

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

STATE OF LOUISIANA
DEPARTMENT OF NATURAL RESOURCES
OFFICE OF CONSERVATION

WATER RESOURCE COMMISSION
2ND REGULAR MEETING

THURSDAY, DECEMBER 5, 2019
11:00 A.M.

LASALLE BUILDING
1ST FLOOR - LABELLE ROOM
617 NORTH 3RD STREET
BATON ROUGE, LOUISIANA 70802

REPORTED BY:
LISA M. NEALY, CCR, RPR
BATON ROUGE COURT REPORTERS, LLC

1 COMMISSION MEMBERS IN ATTENDANCE:

2

3 KYLE F. BALKUM

4 Louisiana Department of Wildlife and Fisheries

5 SENATOR NORBY CHABERT

6 Louisiana State Senate

7 DAVID D. CULPEPPER

8 Geoscientists with Expertise in Groundwater

9 Resource Management

10 MARK S. DAVIS

11 Tulane Institute of Water Resources Policy and

12 Law

13 ANTHONY J. DUPLÉCHIN

14 Capital Area Groundwater Conservation District

15 JOHAN FORSMAN

16 Louisiana Department of Health and Hospitals,

17 Office of Public Health

18 LINDSEY K. GOUEDY

19 Sparta Groundwater Conservation District

20 CHAIRMAN THOMAS HARRIS

21 Louisiana Office of the Governor

22 CHRISTOPHER P. KNOTTS, P.E., FASCE

23 Louisiana Department of Transportation and

24 Development

25

1 COMMISSION MEMBERS IN ATTENDANCE, CONT.:

2

3 BENJAMIN J. MALBROUGH

4 Executive Director Bayou Lafourche Fresh Water
5 District

6 BRADLEY E. SPICER

7 Louisiana Department of Agriculture and
8 Forestry

9 JOHN PAUL STOSHAK

10 House Natural Resources and Environment

11 CHARLES SUTCLIFFE

12 Chief Resilience Officer at Governor's Office
13 Coastal Activities

14 ELLEN J. TORGRIMSON

15 League of Women Voters, Louisiana Wildlife
16 Federation and the Coalition to Restore
17 Coastal Louisiana

18

19

20

21

22

23

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I N D E X

Page:

1. Call to Order.....5
2. Roll Call.....5
3. Adoption of Previous Meeting Summary.....9
4. Work of the New Orleans Sustainable
Infrastructure Program.....10
Mary Kincaid, P.E., Program Manager
6. Update from the Louisiana Rural Water
Infrastructure Committee.....77
Leslie Durham, Chair and Governor's Designee
to the Delta Regional Authority
7. Comments of Water Resource Management in
Louisiana.....87
Brad Spicer, WRC Vice-Chair, Louisiana
Department of Agriculture and Forestry
10. Adjournment.....109

1 CALL TO ORDER

2 CHAIRMAN HARRIS:

3 Good afternoon, everyone. Thank you
4 for coming. I'd like to call this
5 meeting of the Water Resource Commission
6 to order.

7 Matt, would you call the roll,
8 please.

9 MR. REONAS:

10 Yes, sir.

11 Mr. Balkum?

12 MR. BALKUM:

13 Here.

14 MR. REONAS:

15 Representative Bishop?

16 (No response.)

17 MR. REONAS:

18 Captain Bopp?

19 (No response.)

20 MR. REONAS:

21 Senator Chabert?

22 SENATOR CHABERT:

23 Here.

24 MR. REONAS:

25 Guy Cormier?

1 (No response.)

2 MR. REONAS:

3 Mr. Culpepper?

4 MR. CULPEPPER:

5 Here.

6 MR. REONAS:

7 Mr. Davis?

8 MR. DAVIS:

9 Here.

10 MR. REONAS:

11 Mr. Duplechin?

12 MR. DUPLECHIN:

13 Present.

14 MR. REONAS:

15 Mr. Forsman?

16 MR. FORSMAN:

17 Here.

18 MR. REONAS:

19 Mr. Founds?

20 (No response.)

21 MR. REONAS:

22 Mr. Frey?

23 (No response.)

24 MR. REONAS:

25 Ms. Gouedy?

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MS. GOUEDY:
Here.
MR. REONAS:
Mr. Gray?
(No response.)
MR. REONAS:
Chairman Harris?
CHAIRMAN HARRIS:
Here.
MR. REONAS:
Commissioner Ieyoub?
(No response.)
MR. REONAS:
Mr. Knotts?
MR. KNOTTS:
Here.
MR. REONAS:
Mr. Malbrough?
MR. MALBROUGH:
Here.
MR. REONAS:
Mr. Rabalais?
(No response.)
MR. REONAS:
Mr. Spicer?

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. SPICER:
Here.
MR. REONAS:
Mr. Stoshak?
MR. STOSHAK:
Here.
MR. REONAS:
Mr. Sutcliffe?
MR. SUTCLIFFE:
Here.
MR. REONAS:
Ms. Torgrimson?
MS. TORGRIMSON:
Here.
MR. REONAS:
Mr. Witty?
(No response.)
MR. REONAS:
Okay. We do have a quorum, so we're
good for any business that we need to
take care of.
CHAIRMAN HARRIS:
Outstanding. Thank you, Matt.
The first order of business, we do
need a motion to adopt the meeting

1 summary minutes from our last meeting.

2 MR. STOSHAK:

3 I move we so accept the minutes.

4 CHAIRMAN HARRIS:

5 We have a motion. Do I hear a
6 second?

7 MR. SPICER:

8 Second.

9 CHAIRMAN HARRIS:

10 Mr. Spicer seconds. All in favor,
11 aye.

12 COMMISSION MEMBERS:

13 Aye.

14 CHAIRMAN HARRIS:

15 All opposed?

16 (No response.)

17 CHAIRMAN HARRIS:

18 The motion carries.

19 MR. REONAS:

20 Mr. Chairman, can I take just a
21 second to introduce our -- are the mikes
22 on?

23 CHAIRMAN HARRIS:

24 Uh, all the...

25 MR. REONAS:

1 I'll look at it in just a minute.

2 I did want to introduce, uh, in the
3 back, for the Office of Conservation and
4 working with the staff here for the Water
5 Resources Commission, Tim Schroeder. So
6 Tim is going to be -- you'll probably get
7 emails from him starting at some point
8 shortly, so.

9 Let me check the mikes.

10 CHAIRMAN HARRIS:

11 They're showing as on.

12 MR. REONAS:

13 There we go.

14 CHAIRMAN HARRIS:

15 Thank you, Matt. Please proceed.

16 MR. REONAS:

17 Okay. Our first presenter, Mary
18 Kincaid, from New Orleans. She is the
19 program manager for the Sustainable
20 Infrastructure Program, City of New
21 Orleans. So I'll turn it over to Mary.

22 And thank you again for coming up.

23 MS. KINCAID:

24 Thank you so much for having me.

25 So, what I'd really like to talk to

1 y'all about today and talk about the
2 interested persons in the audience, is
3 some of the things that we're doing in
4 New Orleans, kind of our approach to
5 living with water.

6 So, our approach to living with
7 water -- because this is a message that I
8 would really love to get out more into
9 the, um, parishes and other areas of
10 Louisiana. I am by background a civil
11 engineer, a graduate of the University of
12 New Orleans. And for those of you that
13 are wondering when Rachel Kincaid cut her
14 hair, that's my sister. And we do look a
15 lot alike. So I saw some of y'all kind
16 of looking at me like, "Hmm."

17 So, in New Orleans, we are
18 surrounded by water, and we're limited by
19 our pump capacity. So part of what we've
20 done is we've looked at having a new
21 approach to living with water so that
22 we're not trying to shush it away as
23 quickly as possible, but that we're
24 trying to actually use it as a resource.
25 So we'll be incorporating stormwater

1 storage into our green spaces, streets,
2 homes, and yards. And we're using the
3 Hazard Mitigation Program and the HUD
4 Disaster Resilience Program federal
5 funding to do that. Those are the
6 projects I want to talk to you about
7 today.

8 So, for those of y'all that are
9 familiar with FEMA's Hazard Mitigation
10 Program, typically what had happened was,
11 once you had a disaster declared, the
12 Feds would come in and say, The size of
13 your disaster is "X." And then some
14 proportion of "X" would be set aside for
15 mitigation.

16 With disaster recovery, they only
17 give you back what you already had
18 before. If you had a moldy piece of
19 toast, you get back a moldy piece of
20 toast. It doesn't matter if you can't
21 eat it. With hazard mitigation, they
22 actually give you something that will
23 prevent future damage.

24 But, what's interesting is, in the
25 most recent reauthorization of the

1 Stafford Act, they went to what's called
2 non-disaster hazard mitigation. So, if
3 you haven't heard of this before, I
4 encourage you to look into it. So now,
5 you don't have to wait for your community
6 to have a disaster to be able to apply
7 for this type of funding. You can apply
8 for non-disaster hazard mitigation. I
9 believe the pool is about \$400 million,
10 but, you know, it's still worth looking
11 into, and certainly worth thinking about
12 in your long-term plan.

13 What the city has done, is
14 stormwater management, home elevation,
15 and wind retrofits for structure
16 hardening. These projects require a
17 one-to-one cost benefit ratio. And that
18 cost benefit ratio is based on a narrow
19 definition of benefit. Is has to do with
20 flooding prevention to the value of a
21 home and to areas that have a historic
22 participation in flood insurance.

23 Now, what are the two problems with
24 that? It's inherently inequitable,
25 because it's based upon the value of

1 homes and it's based upon historic rates
2 of insurance participation. So some of
3 your lower income neighborhoods, some of
4 your neighborhoods where your housing
5 stock is less value, you're not going to
6 be able to do a project like this in that
7 neighborhood.

8 So it's important to know that
9 formula going in and to be able to look
10 at and have a team that is knowledgeable
11 of what's called the depth-damage curves.
12 The depth-damage curves say if you have
13 three inches to a home and that home is
14 valued at \$200,000, then the damage to
15 that home is going to be "X." And the
16 one-to-one benefit ratio says, if I spend
17 \$3 million on a project, it has to
18 prevent \$3 million in insured losses over
19 a 40-year period. So, this is the money
20 that we have to work with. But again, it
21 has inherent problems.

22 Now, part of what I want to talk
23 with y'all about today is, you know, what
24 do we do when we say that we're going to
25 live with water? What does that mean?

1 What does it -- what are we going to do
2 differently if I say that we're not just
3 going to shush it away immediately,
4 right? So, these little emblems give you
5 some ideas of what does it mean to live
6 with water.

7 So, we do underground storage in
8 parks. We have bio-retention cells, tree
9 cells, and bioswales. I'm going to show
10 you what that looks like later. And we
11 have some areas where we do have to
12 increase our stormwater management
13 system. So a combination of both, of
14 gray infrastructure and what's called
15 green infrastructure. A lot of these
16 solutions up here are green solutions.
17 And I'm also going to show you a little
18 bit about green roofs and blue roofs.

19 In Louisiana, 77 percent of our days
20 are cooling days. This means that we use
21 our energy to bring the temperature in
22 our homes and buildings down to a
23 manageable level. Now, fortunately,
24 77 percent of our days are flooding days.
25 Yeah, right? Knock on wood. So,

1 actually bringing down the energy use in
2 your building, has a day-to-day benefit
3 even beyond the flooding reduction that
4 you're going to get with a green roof or
5 a blue roof.

6 This is one of our smaller projects.
7 And I brought this to you today to show
8 you how this can really work on any
9 scale. The New Orleans Redevelopment
10 Agency owned some properties in New
11 Orleans after Katrina. People that
12 wanted to sell their homes or wanted to
13 sell a vacant lot, it was purchased by
14 the New Orleans Redevelopment Agency.
15 This project takes five of those parcels,
16 and we do underground storage underneath
17 those parcels, then we put turf back on
18 top. So now we have a stormwater
19 facility, but we also have something that
20 we're not taking out of public use, or
21 out of public benefit. We're not having
22 something that it's just open storage
23 with a fence around it and has no use
24 whatsoever.

25 So, what these underground storage

1 retention tanks do, is they'll hold onto
2 the water, and then they'll release it
3 slowly through a weir. So, you know,
4 we're limited by our pump curve, right?
5 But that pump can keep going. So if we
6 hold these -- hold water back for a
7 little while, then we're able to work
8 within our pump capacity.

9 What we also did here along Perlita
10 Street, is we added bioswales so that
11 water, instead of going straight into a
12 catch-basin and into the stormwater
13 system, it's being held for a short
14 amount of time in the bioswales, and it's
15 getting some great biologic action. So
16 the bacteria, the plants, are cleaning
17 that water, removing petrochemicals, and
18 then the plants themselves are constantly
19 taking up water and evaporating it into
20 the air. So we're getting both the
21 storage that we would get just from the
22 soil, but also some action from the
23 plants.

24 And this project, though it's a
25 small project, it avoids \$420,000 in

1 future damages to automobiles from street
2 flooding.

3 And, you know, this goes back to the
4 one-to-one benefit. So this was the
5 one-to-one benefit that we had to reach,
6 but we also have these other benefits
7 that are not counted in the model, such
8 as additional habitat, biodiversity, more
9 clean water, you know, as opposed to
10 being pumped straight into Lake
11 Pontchartrain, that we're cleaning the
12 water.

13 How many people in the audience are
14 working for or on behalf of, um, a
15 municipality that has an MS4 permit?

16 (No response.)

17 MS. KINCAID:

18 Okay, then I'll move on.

19 So, currently in New Orleans we
20 don't have a requirement to have a water
21 quality standard under our MS4 permit
22 when it's discharged to Lake
23 Pontchartrain, but we anticipate that
24 that will come one day. So projects like
25 this will help us reach the water quality

1 that we need under that municipal storm
2 sewer water permit.

3 Types of green infrastructure,
4 again, this is something that can work at
5 any scale. So I'm showing you some walls
6 here. Why would we care about walls? I
7 mean, does a wall really catch that much
8 rain water? Well, again, this goes back
9 to the 77 percent of our days we use
10 energy for cooling. And so when you have
11 a wall and you make it into a green wall,
12 it can really help you with your
13 municipal building or whatever structure
14 it is that you have, in terms of reducing
15 the energy use.

16 And for those of y'all that do get
17 to New Orleans sometime -- I'd love to
18 throw up this permeable paving lot at
19 Ruby Slipper with bioswales, because you
20 can get a 2-for-1 there. You can go and
21 have the stuffed French toast -- a
22 3-for-1 -- and you can go and have the
23 stuffed French toast, and also check out
24 how they did that parking lot. It's
25 permeable paving that is held in place

1 with a grid. And then you see the
2 bioswale kind of in the foreground.

3 Hagan Lafitte is a project that we
4 have that reduces what is going into
5 Bayou St. John and reduces what is going
6 into Drainage Pump Station 3. This
7 project is a combination of the
8 techniques of underground storage plus
9 bioswales in the street. And it reduced
10 our peak flooding by 14 inches. It's a
11 very successful project for us. And this
12 is currently in construction.

13 Why would it be important to reduce
14 the duration of flooding? That gets into
15 economic activity. You know, so, parents
16 don't want their kids to be released into
17 streets that are flooded and to have to
18 wade into water. We also have issues
19 with people that -- you know, we have
20 raised houses in New Orleans. And so
21 there are people that have diabetes, and
22 if they need to go to the doctor and the
23 street is flooded, they can't walk
24 through that water. They can't wade
25 through it. They have to then be taken

1 out of their home by an ambulance. So
2 reducing the duration of flood water by
3 three hours is also something that we
4 look at. It's really important to us for
5 quality of life.

6 St. Roch is one of our ones that is
7 a combination of more gray
8 infrastructure. So in this one we are
9 increasing stormwater sewer system to
10 retain water, but also bioswales in the
11 street. And what's interesting about
12 this one is, this was something that was
13 a harder neighborhood for us to get in.
14 The streets were narrow. They were
15 historic. This project involves taking
16 up historic streetcar tracks and then
17 putting them back as part of
18 construction. So, I feel like this is a
19 great -- if you are part of a city that
20 has a historic downtown, this project
21 says that it can be done.

22 This is one of our bigger ones.
23 Drainage Pump Station 1. Also called the
24 Broadmoor Project because the area of
25 benefit is actually at the downstream

1 end. So if we think about the topography
2 of New Orleans, along the river is
3 higher, and then everything drains toward
4 that star. So as the drainage pump
5 station would get overwhelmed, flooding
6 would occur around the vicinity of the
7 star, the Broadmoor neighborhood.

8 On this project, we have four
9 stormwater parks, the stormwater lots
10 that we mentioned before, green
11 intersections, which are intersections
12 that have both bioswales and permeable
13 paving, and we have pipe upgrades.

14 Part of what we're doing is we're
15 going to do stormwater storage in
16 Saratoga and Van McMurray Park, with
17 plantings to improve the stormwater
18 infiltration.

19 So, Saratoga Park is a former site
20 of an incinerator. Closed in 1986. So
21 we did some soil testing to determine the
22 extent of the contamination, the type of
23 the contamination, and the depth of the
24 contamination. So we know how much soil
25 we're going to have to remove and then

1 take into a specific landfill. And then
2 this is going to take something that has
3 not been any type of benefit to the
4 neighborhood -- it's a closed site that's
5 fenced off, it's known to be
6 lead-contaminated -- and we're going to
7 remove the contaminated soil to the
8 underground storage. And the landscaping
9 for this park calls for a meandering path
10 through it. This is a park that is
11 surrounded on two sides by three
12 cemeteries. So once this park is
13 complete, the meandering pathway can be
14 used for second lines, um, for people
15 coming to the cemeteries.

16 Intersection upgrades, we mentioned.
17 And then, looking at complete streets.
18 So, complete streets might not be
19 something that the Water Commission talks
20 about a lot, but a complete street is one
21 that is designed not just for cars, but
22 also for pedestrians and bicycles. So
23 we're going in here and using the
24 pervious parking pavers and really
25 delineating that bike lane, delineating.

1 Also using rain garden bumpouts to make
2 pedestrians more visible at the
3 intersections. So we're not just adding
4 stormwater features, we're making this
5 safer for biking, for walking, and using
6 the resources. This is going to store
7 12.9 million gallons of stormwater for
8 us.

9 Lakeview City Park is a project that
10 we just recently got approved for HMGP.
11 As you can see, what we're doing is we're
12 diverting water from the surrounding
13 neighborhoods into a new, created
14 wetland. So we're not just going to dump
15 this stormwater into the lagoons at City
16 Park, we're dumping it into a new,
17 created wetland that will be our
18 filtration wetland. And then we're going
19 to be going through and creating terraces
20 around the existing lagoons.

21 So, this will be providing us with a
22 huge amount of additional storage. And
23 people say, How much storage is it? And
24 it kind of depends on the rain event. So
25 in an Isaac-type event where it just

1 keeps on raining, the storage goes all
2 the way up to potentially 320 million
3 gallons. Now, during a ten-year storm,
4 obviously it doesn't store that much.
5 But the great thing about this is that
6 we're doing something for City Park too.
7 We're going to be going in and
8 stabilizing those lagoon edges and
9 creating sort of a terrace, so that it'll
10 increase the storage capacity, but also
11 increases something that is very
12 biologically rich: an intermittently
13 flooded zone. A stable bank with an
14 intermittently flooded zone. So we're
15 increasing the area where you can find
16 rich habitat for amphibians, small fish,
17 and other things that then support other
18 types life.

19 The remainder of our projects don't
20 have to meet the FEMA HMGP one-to-one
21 because they're funded by the HUD
22 National Disaster Resilience Competition.
23 This was a competitive grant that was
24 only open to cities that had had a
25 previous disaster. We're using, uh, same

1 types of techniques, but on a little bit
2 larger scale, and then doing something
3 that's really interesting, and I think
4 has huge potential. We are actually
5 putting in stormwater improvements on
6 private residential property through our
7 community adaptation program. So, low to
8 moderate income individuals could apply
9 to have a rain garden, to have a
10 stormwater planter, or to have a, um,
11 impervious driveway be converted to a
12 pervious driveway. So we're not just
13 working in the public space and the
14 things that we own and control. We're
15 taking this out into the neighborhood,
16 and then we're asking those LMI
17 individuals to serve as block captains
18 and host parties for the neighborhood --
19 "Coffee in the driveway," we call it --
20 where they talk about this technique and
21 how it's useful.

22 So, with HUD, (inaudible) a lot more
23 types of outcomes than just the
24 one-to-one that we talked about with
25 HMGP. I'm looking at urban heat,

1 workforce development, public health --
2 huge connection between urban heat and
3 public health -- and flood risk
4 reduction. So we think of these projects
5 as "water and."

6 This is an overview. Everything is
7 inside the Gentilly Resilience District,
8 to give you an idea of all the projects
9 and how they're located together. Our
10 biggest project is blue and green
11 corridors, which is kind of around the
12 spine of Elysian Fields. And then as you
13 can see, I have some campus-level
14 projects: Mirabeau, Dillard, and St.
15 Bernard neighborhood campus.

16 Mirabeau Water Garden is one that is
17 a, um, it's a once in a lifetime, once in
18 a career project. The Sisters of
19 St. Joseph donated their campus to the
20 City of New Orleans, with the stipulation
21 that it have something be done for the
22 benefit of the people of New Orleans. So
23 what we're going to do here is stormwater
24 lagoons, and then also educational
25 facilities.

1 Now, most of you in the audience may
2 already know about the Pine Island trend.
3 Now, we think in Louisiana of having clay
4 soils in New Orleans. And we do.
5 However, the reason why New Orleans
6 exists is because there used to be a
7 barrier island that was colonized by pine
8 trees. And if you think of this remnant
9 barrier island, this layer of sand, it's
10 like a pageant sash that goes across New
11 Orleans diagonally. It goes right across
12 this site. So, we're planting a sort
13 of -- a, uh, replica pine forest where
14 this sand layer comes closest to the
15 surface. And we'll be doing education
16 with the public on some of the things
17 that they can do to reduce their own
18 flooding risk. So everything that will
19 happen in this park will have an action
20 that someone can walk away and take. And
21 it's tied with history. So, for
22 instance, the sisters were very
23 self-sufficient. So I will have a
24 demonstration vegetable garden on the
25 site that will talk about how you can

1 grow your own food. Studies show that
2 people that grow their own food, any
3 amount, have a much healthier diet than
4 people that don't grow their own food.
5 So everything in this park will have an
6 action for people to take away.

7 The Milne Campus is operated by the
8 Milne Trust. But it has a long history
9 of involvement with youth and teens. So
10 for this one, the action is water plus
11 youth. This project actually engages
12 youth and teens in the design of what
13 will happen on the Milne Campus. We're
14 looking at green stormwater storage, and
15 some recreational amenities to be added
16 here.

17 Pontilly is one that we're
18 leveraging our HMGP funds. The residents
19 came to us in 2008 and asked for
20 something to be done with Dwyer Canal.
21 Dwyer Canal historically separated two
22 segregated neighborhoods. Gentilly Woods
23 to the south was one of the first
24 residential neighborhoods in Gentilly,
25 because those were the homes that Higgins

1 workers, they took home wood from the
2 industrial canal where the Higgins boats
3 were being built, and they built homes
4 that were called Higgins Huts. So that
5 was Gentilly Woods. And then to the
6 north of Dwyer Canal, Pontchartrain Park
7 was the first, um, middle-class,
8 African-American subdivision. So two
9 very historic neighborhoods and Dwyer
10 Canal between them.

11 This is our HMGP project. In HMGP,
12 we will be doing things in both
13 neighborhoods, really at every level. So
14 we have some stormwater plots, we have
15 some bioswales, street interventions,
16 pervious parking. We're adding a
17 bioswale to the golf course, and doing
18 some green alleyways. So, we're working
19 all throughout this, and every type of
20 intervention.

21 If you want to see what an
22 intervention like this could look like in
23 your city, call me, come take a visit,
24 because the example will be in this
25 project and it's currently under

1 construction. We'd love to show you how
2 it looks.

3 So we start with this work, then we
4 come back, and we turn the canal itself
5 into a linear park. And we add
6 pedestrian bridges across the Dwyer
7 Canal. So we're taking something that
8 used to divide us, and turning it into
9 something that unites us and unites the
10 two neighborhoods.

11 Blue and green corridors, as I said,
12 is one of our larger projects. We're
13 going to be taking the neutral grounds
14 and turning them into blue corridors that
15 store and circulate water. So there will
16 be a wet condition and there will be a
17 dry condition. The dry condition will be
18 similar to the coastal prairie that did
19 used to exist in New Orleans. It's now
20 more of a remnant, but exists from
21 Lafayette to Texas.

22 And then our green corridors are the
23 corridors where we currently have
24 existing box culverts, so we're going to
25 be adding plantings there.

1 You know, we look at our cities and
2 they look green to us. But they really
3 can be a monoculture. You've got turf,
4 and then you've got about four different
5 types of trees: Crape myrtle, magnolia,
6 cypress, and live oak. So it's a bit of
7 a desert for birds and other animals.

8 Now, when we push out those animals,
9 what are we left with? There's no such
10 thing as a vacuum. There's no such
11 thing, from the North Pole to the South
12 Pole, as a habitat that is not adapted
13 for animals. It's just the type of
14 animal that it's adapted for. So we push
15 out all these other creatures, what comes
16 in are the animals that are adapted to
17 live with us: Rats, mosquitoes, crows,
18 pigeons, things that carry West Nile,
19 transmit West Nile, and transmit other
20 diseases.

21 So part of what we want to look at
22 is, by bringing back biodiversity and by
23 having a greater diversity, can we push
24 out some of these other creatures that
25 are known to be disease vectors. You

1 know, so can we manage sites in such a
2 way that we remove these disease vector
3 reservoirs?

4 St. Anthony Green Streets is a
5 neighborhood-level project that takes
6 three existing parks and unites them in a
7 recreational loop. We're also doing
8 stormwater storage in each of the three
9 parks.

10 You may have noticed on the earlier
11 slide that it talked about community
12 engagement. This is a very different
13 design process for us. As opposed to
14 city employees scoping out the work,
15 choosing the design firm, and then going
16 out in public and saying this is what
17 we're going to do, HUD asked us,
18 required, that we go out and say, What is
19 preventing you from using the resources
20 in your neighborhood? Instead of me as
21 an engineer looking at something and
22 saying, Oh, these people would exercise
23 more and use these facilities if there
24 was more lighting, we went out and spoke
25 with the public and said, What are the

1 things that are preventing you from using
2 this park?

3 And we heard, "I don't use that
4 park," or "I don't let my children go to
5 that park because that intersection is
6 dangerous." And so we need some traffic
7 calming measures at that intersection,
8 and then people will be more likely to
9 use that park. I also heard, "I didn't
10 even know that park was there. I just
11 don't drive that way." So we talked
12 about signage.

13 So we learned a lot from this
14 process. And it's something that I
15 wanted to come and talk to y'all about
16 today, that instead of assuming that we
17 know what the answers are, that we go out
18 and we ask the residents. We actually
19 worked with our health department to come
20 up with these open-ended questions.

21 "What in your neighborhood makes it hard
22 to get to work or school on time, or easy
23 to get to work or school on time? What
24 in your neighborhood makes it hard to
25 exercise, or to be out in nature?" And

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

so on and so on.

St. Bernard Campus was an existing recreational facility called the Willie Hall Playground. Very active in the neighborhood's cultural memory, right? And now this is a high school. So Willie Hall Playground was more around the, uh, grammar school age. So we're coming in here, we're adding underground storage under the football field, we're bringing in a running track, we're providing a softball field. But we're also going to come in, and along Bayou St. John, we're going to put back that playground and a shade structure. So, we're going to be -- again, what does HUD care about? HUD cares about housing. So by having access to Bayou St. John and encouraging people to engage with Bayou St. John, making them more aware of their risk. HUD noticed that the biggest issue for low to moderate income individuals and their housing was that they were displaced after a disaster, and it was just too hard for them to get back.

1 You know, we see these feel-good
2 stories that say "Oh, this person opened
3 a New Orleans style restaurant in Utah."
4 I can guarantee you that guy didn't
5 really want to be there. He ended up
6 there and he made something out of a --
7 made the best out of a bad situation.
8 But I doubt he was like, Ah, this is my
9 business plan, I'm going to go to Utah
10 and open a restaurant that serves
11 etouffee.

12 So HUD wanted to prevent that. They
13 wanted people to be more aware of their
14 risk, to plan for their risk, and then
15 also, they asked us to look at a concept
16 called place making. Place making is
17 where you have something in your
18 neighborhood, whether it's a park or
19 running track, whatever, and it allows
20 people from different economic
21 backgrounds and different ages, to use it
22 and interact with each other.

23 So, the classic example of this is
24 where you have a park that has a running
25 track and it has benches, and so you have

1 people out there and they're jogging, you
2 have mothers out there in their stroller
3 using the playground, you have older
4 people on the benches, and people get to
5 talk and get to interact with their
6 neighbors.

7 Now, why does HUD care about place
8 making? Because they felt like you're
9 not likely to knock on your neighbor's
10 door and ask them if they needed help
11 evacuating if you have never talked to
12 them before. So place making was a part
13 of what they asked us to look at.

14 Dillard Wetlands is, uh, something
15 that we're not making any more of. It's
16 an existing urban forest in the middle of
17 the city, uh, from an accident of
18 planning. So, we have these, uh --
19 historically, we had these rectangular
20 parcels that were perpendicular to the
21 river or to a bayou, right? Well, when
22 they came in and they put in London
23 Canal, they did it exactly north-south,
24 straight up to the lake, and created
25 this, uh, two triangles. The triangle to

1 the east is Dillard University. The
2 triangle to the west was many things. It
3 was proposed to be a, um, tuberculosis
4 hospital, it was proposed to be a
5 cemetery. It never became any of those
6 things. It has been cut over once for
7 timber in the '40s, but it does have some
8 live oaks that are a hundred years in
9 age.

10 So this is something that we're
11 going to bring into public use. It's
12 also a big mosquito reservoir for us. So
13 what we need to do is flush water through
14 there. Now it's storing water, but it's
15 storing it in an uncontrolled and
16 unplanned way, and the mosquitoes are
17 loving it. So we're going to be pushing
18 water through here and controlling the
19 storage of water with a weir, so that we
20 hopefully get that retention time down to
21 72 hours and we're not, um, creating such
22 a reservoir for mosquitoes.

23 The other thing that we really want
24 to do with that is bring something to the
25 people of New Orleans that they have not

1 really previously had. The Japanese
2 practice is a meditative practice called
3 forest bathing. So, you walk around in a
4 bamboo forest, it completely shuts off
5 the sounds of the urban setting, and
6 there are meditations that you do as you
7 do this practice. So we want to work
8 with the, um, Honorary Consul of Japan,
9 the Japanese-American Society in New
10 Orleans. We used to have a consul in New
11 Orleans but we no longer do. So we want
12 to work with them to make this a forest
13 bathing area, bringing meditation,
14 mindfulness, all the benefits of nature,
15 to the residents of Gentilly. Reducing
16 your blood pressure. Improving your
17 heart function. Cutting the stress,
18 reducing your cortisol. So, in addition
19 to storing stormwater in a mindful way
20 and taking away a public health problem
21 with the mosquitoes, we want to turn this
22 into a public health benefit.

23 Our Community Adaptation Program, as
24 I mentioned, individuals can apply for
25 these specific interventions. What we

1 did to make it less of a burden for the
2 residents, is the city prequalified five
3 different types of interventions, and we
4 prequalified two contractors. And so the
5 resident can pick the intervention and
6 pick the contractor that they wish to
7 work with and interview the contractor so
8 they have control, but we don't give them
9 a direct grant, so we don't have any
10 concerns for the individuals about this
11 changing their ability to qualify for
12 benefits. We directly pay the
13 contractor. And so we're getting
14 quality, and they're not getting any
15 risk. The resident's not getting the
16 risk.

17 Part of what we're doing in the
18 planning of this grant, is we're working
19 with Deltares and with the Water
20 Institute of the Gulf, on a groundwater
21 model. The city has, for many years, had
22 a hydrologic model of how water moves
23 above the surface. We haven't looked at
24 the groundwater model. So we have a
25 groundwater model from Deltares and we

1 have a subsidence vulnerability model.
2 The next stage will be integrating these
3 two models together.

4 So, how is stormwater storage
5 replenishing groundwater storage, or how
6 is broken stormwater infrastructure, such
7 as drainage pipes, artificially drawing
8 it down? Now, remember what I said about
9 there's no vacuum in nature. So when we
10 artificially draw down the level of fresh
11 groundwater through broken drainage
12 pipes, saline water from Lake
13 Pontchartrain comes in.

14 Now, we know from climate change
15 that the level of Lake Pontchartrain will
16 rise. Two negative things happen with
17 that saline intrusion. One is that it
18 stresses out the live oak trees. So if
19 we lose those live oak trees, then the
20 thing that slows down storms, um, becomes
21 the roofs of our houses. So we don't
22 want that. We don't want to lose our
23 live oaks.

24 The other thing that's interesting
25 is, in clay soil, when the saline

1 particles in the saline water comes in,
2 it actually causes the clay structure to
3 collapse. Like static electricity. If
4 you think about two balloons being
5 attracted to each other from static
6 electricity, what happens in these clay
7 layers, is once saline comes through,
8 that saline contracts those clay layers
9 closer together. It collapses the soil
10 skeleton. So, negative things that we
11 don't want to happen, we're very
12 interested in monitoring our groundwater
13 level and keeping that saline intrusion
14 out.

15 We had the University of New Orleans
16 do a repetitive loss area analysis for
17 us, and we've been extremely pleased with
18 the results of this. They integrated
19 students into the data gathering and set
20 up a quality control procedure. So I
21 recommend that you also consider working
22 with the universities that you have
23 around you and looking at them for help
24 with your problems in your cities.

25 One of the things that CHART does is

1 they provide assistance to homeowners
2 on -- if you see the two examples that we
3 have up here, for historic neighborhoods,
4 you can go to their website and say, "I'd
5 like to elevate my home, what should I
6 make it look like," so that you're
7 preserving the look of the neighborhood.
8 So they have several different options
9 there to show you how to provide risk
10 management, but also to do it in such a
11 way that you're protecting your property
12 values.

13 Now, what are the next steps that we
14 want to do? We want to look at campus
15 management. So whether it's a large
16 business, a hospital, a school, a church,
17 anyone that has large parking areas or
18 large areas that they have to maintain,
19 we want to look at them.

20 For instance, St. Bernard has done,
21 through a cooperative endeavor agreement
22 with the Orleans Parish School Board, we
23 can convert these impervious areas to
24 pervious surfaces and install stormwater
25 storage. And then on your overflow lots

1 that you use for, say, temporary parking,
2 you can add underground storage, come in
3 and reinforce the grass surface with this
4 turf management grid, and it will reduce
5 your landscape maintenance. Some of
6 these projects can pay for themselves if
7 you do a little back-of-envelope
8 calculation on -- after your large
9 events, where you're coming in and
10 refilling ruts, or you're reseeding,
11 resodding. And so adding stormwater
12 storage and adding this grid, can
13 actually take away those future expenses
14 for you.

15 Now, nothing lasts forever. As an
16 engineer, when we have engineer interns
17 come in I always tell them, we don't
18 design things to last forever. We design
19 them to fail in a predictable manner that
20 can be controlled. Nothing lasts
21 forever. So any parking lot will
22 eventually need to be resurfaced or
23 replaced. Anything that you do with turf
24 management is eventually going to have to
25 have something happen to it to prevent

1 erosion. Or you're going to have to
2 replace plants.

3 So just think about this in your
4 overall facilities management, looking at
5 your facilities management. But the next
6 time you go to replace some roof, that
7 you're thinking about the green roof or
8 blue roof options. Put them on the table
9 and do a cost benefit analysis and see
10 how quickly a blue roof will pay for
11 itself. Put a pervious paving surface as
12 part of that and say, Oh, if I change
13 this over from asphalt to a reinforced
14 aggregate surface, how quickly is that
15 going to pay for itself?

16 I have put this picture up here
17 because there's something deeply
18 unnatural about this soil.

19 Ryan, I'm going to put you on the
20 spot. What is unnatural about this soil?

21 PERSON IN AUDIENCE:

22 (Inaudible).

23 MS. KINCAID:

24 It's very compacted. So, soil
25 should never look like this. See how

1 it's holding that vertical, almost
2 90-degree angle? Soil in nature that is
3 not man-made and compacted never looks
4 like this. And compacted soil, compacted
5 soil that is not high in organic content,
6 is a soil that functions more like a
7 parking lot.

8 So, part of what I have up here are
9 recommendations for just thinking about
10 the campuses that you manage, that you're
11 blowing in organic material, replenishing
12 the topsoil, and that you're writing the
13 specifications for your projects, that
14 you compact to 95 (indiscernible) only
15 where you need to. The rest of it does
16 not need to be compacted like this. What
17 the U.S. Department of Agriculture
18 determined was that a less compacted
19 soil, a more organic soil, would retain
20 more water. They were interested in
21 keeping up the available water content so
22 they didn't have crop failure. I'm
23 interested in keeping up the available
24 water content so I don't have so much
25 runoff. But just achieving a

1 five percent organic content in the soils
2 of your campuses, really reduces your
3 runoff.

4 I have here some examples.
5 Three-inch turf grass gets you three-inch
6 roots. Think of your roots as a
7 superhighway for getting stormwater into
8 the ground, out of the streets and out of
9 your homes.

10 So if we go back to the coastal
11 prairie that did exist here, if we start
12 to replicate that, even in little areas
13 and little ways, that will have a
14 positive benefit for us, that this
15 three-inch turf grass that we are so
16 infatuated with will never do for us.

17 That's actually all the same plant
18 in that -- those three pictures at the
19 bottom. That's a plant called little
20 blue stem. So, in the spring it has that
21 lovely light blue color, and then in the
22 fall it has the attractive seed heads.
23 So, getting away from the idea of mowing,
24 dead-heading, and removing everything,
25 leaving things in place and having these

1 plants that have longer roots. So you
2 really achieve, for your organization, a
3 cost savings, because you're going to
4 look at your crews and how often you mow
5 and blow, and you will be able to reduce
6 that. So if you have a large area,
7 consider seeding with these prairie
8 grasses and not mowing it. You can mow a
9 pathway around it, you can maintain a
10 pathway so that you have a walkway. But
11 if you have a large area, do you really
12 need to mow all of that? Or can you turn
13 it over into what we call a naturalistic
14 planting? Not natural, but naturalistic.

15 Overseed with these longer rooting
16 grasses, and then also nitrogen fixers.
17 Have you ever noticed there's not a
18 single dandelion in the middle of a
19 clover patch? Because clover is a
20 nitrogen fixer. It takes nitrogen up
21 from the soil and it holds it in the
22 plant. So instead of getting rid of
23 this -- so if you get rid of all of that
24 in your campus and you don't have any
25 clover anymore and you just have turf

1 grass, then the next thing you know, you
2 have all these dandelions and other
3 things -- right? -- because there's now
4 more nitrogen content in the soil; it's
5 not taken up by your cover crops like
6 clover. So, just looking at how can you
7 work with what you have.

8 And the last thing I'd like to say
9 is, eliminate your use of pesticides,
10 because the organisms in your soil are
11 constantly turning it over and getting it
12 to a point where it will retain more
13 stormwater for you.

14 So, what I'm talking about here is
15 things that you can do to stormwater
16 without digging a single hole or
17 installing a single pipe or installing
18 any new catch-basins at all. Just
19 changing how we think about things.

20 Your roofs and walls, um, you can
21 add this to any existing roof. So, I'm
22 kind of showing on the top here these
23 trays that, you can add a blue roof by
24 adding these little storage trays to any
25 existing roof. What that's going to do

1 is reduce the runoff from your roof, and
2 then also act as a blanket so you're not
3 getting as much energy exchange, as much
4 heat exchange through your roof to the
5 building. That's going to bring your
6 cooling down and save you money over the
7 life cycle of your roof.

8 Now, a green roof is one that will
9 actually improve stormwater quality.
10 Look at the second picture. I've got
11 green roof plantings around a solar
12 panel. You may not know, solar panels
13 actually are less efficient in higher
14 temperatures. If you have existing solar
15 panels, and you add green media around
16 them, it will actually improve the energy
17 that you get from your solar panels,
18 because the solar panels have a curve of
19 efficiency, and in those higher
20 temperatures, they're just not as
21 efficient. So this can help you bring
22 that heat spike down to your solar
23 panels, and get more out of what you
24 actually have.

25 If you're looking at having to

1 replace a roof in the future, we now have
2 enough data from these green roofs that
3 show that the roof membranes, which is
4 actually your roof -- you know, the thing
5 that you care about, that's keeping water
6 out -- lasts twice as long. So you'll
7 have lower HVAC costs inside, you won't
8 have to replace your green roof as often,
9 and if you are planning a hybrid of solar
10 panels and green media trays, you can get
11 more out of it.

12 This is the biggest thing that I
13 think is the impact for Louisiana that we
14 haven't looked at yet. Not just from the
15 point of your stormwater management and
16 water quality, but also reducing our
17 urban heat. So if a roof -- in addition
18 to transmitting energy to your building
19 and keeping your HVAC costs up, at night
20 it's exuding heat. What we call the
21 urban heat island effect.

22 So, as I was driving here today I
23 was listening to a story on NPR about
24 what a nuisance crows have become in
25 cities, that crows like cities because

1 they're warmer at night than non-urban
2 areas. That's because of us and our love
3 of concrete and our love of buildings.

4 I wanted to encourage y'all to think
5 about a new definition for infrastructure
6 progress. So, the High Line is a
7 elevated railway track that's been turned
8 into a garden. And there's been a huge
9 boom, both as an engine for tourism and
10 in improving property values. What
11 happens when we improve property values?
12 We create wealth for our residents, and
13 we also create wealth for ourselves. We
14 get to increase revenues for the city and
15 bring new things to our residents without
16 actually having to raise taxes.

17 And look at the impact from what
18 Philadelphia did with their stormwater
19 cap and trade credit program. They had a
20 job creation program called the power
21 core, and the 25-year economic impact was
22 \$1.6 billion. And the economic impact
23 outside of just the employee compensation
24 was \$4 billion. We're talking about a
25 real engine, a real engine to create

1 value, to create jobs, and to attract
2 tourism. And other cities are really
3 getting positive press coverage for this.
4 Paris wants to remove, um, impervious
5 surfaces at some of their famous
6 landmarks and turn them into urban
7 forests. That's two-fold for them --
8 well, I should say three-fold. So,
9 having it as an urban forest, in addition
10 to being a more pleasant environment for
11 tourists and people using it, that urban
12 forest is going to reduce the urban heat
13 and it's going to reduce stormwater.

14 Now, what I didn't put up here is
15 the last thing I want to leave you guys
16 with this. Washington, D.C. looked at
17 the impact of putting green roofs on all
18 of their public housing, and they modeled
19 and said, you know, as temperatures
20 continue to go up in cities, we're going
21 to start losing our summer tourism
22 dollars. And if we can reverse this with
23 green roofs and plantings and things that
24 bring down urban heat, then the benefit,
25 they said that their benefit over 40

1 years in retarding lost summer tourism
2 dollars, was \$4 billion.

3 And what struck me about that was,
4 in terms of both our precipitation
5 profile, humidity profile, and reliance
6 on tourism, New Orleans is not dissimilar
7 to Washington, D.C. You know? So,
8 looking at the things like heat and
9 humidity. So if we don't do these things
10 now, then we'll actually start to lose
11 the dollars that we currently have coming
12 in. We'll lose our property value, we'll
13 lose the tourism that is coming in, and
14 we'll be spending more money every summer
15 on cooling costs, in addition to the
16 public health costs. So we can either
17 move forward, or we can slowly slide
18 backward.

19 I'm hoping that some of these ideas
20 were interesting to you, and obviously
21 not enough time today to go into all the
22 strategies of how to do this, but we
23 would love to host anyone in New Orleans
24 and show you these projects and talk with
25 you about how they can be applied to your

1 areas.

2 Thank you so much for having me
3 today.

4 (Applause.)

5 CHAIRMAN HARRIS:

6 Ms. Kincaid, thank you so much for
7 coming today and providing us with this
8 information.

9 Do we have any questions?

10 SENATOR CHABERT:

11 Oh, there's so many things to say at
12 this moment.

13 Mary, thank you for that
14 presentation.

15 A couple of things. One, first and
16 foremost, I don't know who's responsible
17 for it, and not probably anyone on this
18 dais, but the Wi-Fi in this room has
19 greatly improved, uh, throughout the
20 course of my legislative career since
21 this building has been open. I spent a
22 lot of time in this room, and the Wi-Fi
23 has been absolutely atrocious.

24 I bring that up because I've been
25 texting and sending pictures to

1 two-thirds of the NOLA city council.
2 Councilman Brossett is a tremendous
3 friend of mine, has been for a number of
4 years, and it -- we've talked extensively
5 about a lot of this. I work in downtown
6 New Orleans. I work on the 41st floor of
7 One Shell Square -- excuse me, Hancock
8 Whitney Plaza. And that is the greatest
9 vantage point in this entire state to see
10 so much activity. There is no better
11 view, unless you're on the 50th floor, I
12 think. You see everything. One of the
13 things that, um, is shocking when you're
14 up there and you see -- you know,
15 obviously, ten years on Natural Resources
16 Committee as chairman, (indiscernible),
17 yadda-yadda-yadda, I know the map and the
18 landscape fairly well of that area.

19 But when you're up there every day,
20 looking out those big windows and you're
21 seeing truly how lacking the City of New
22 Orleans is in green space, okay, it's
23 shocking. When the floods were
24 occurring, due to a number of factors,
25 including drainage obstruction, my

1 concerns were elevated. And that's when
2 I really started to have serious meetings
3 with the council members, um, Councilman
4 Giarrusso, Councilperson Moreno, and even
5 had a meeting scheduled with Mayor
6 Cantrell on the books. Unfortunately,
7 the Hard Rock collapse canceled our
8 meeting and we really hadn't had an
9 opportunity to reschedule it yet.

10 The banter between Mr. Malbrough and
11 I about this topic has been going on for
12 months. And I'm so excited -- because
13 he's smart. I don't know if you know,
14 but he has a master's degree. I don't.
15 And so many of the things that I've
16 mentioned to him have been validated via
17 your program. Small things. The rooftop
18 issue, again, from my vantage point, you
19 just look at it and it -- it's such a
20 tremendous opportunity for -- I'm not
21 going to regurgitate what you so
22 eloquently put out.

23 The cistern system. You know, I
24 grew up down the bayou. Everybody had a
25 cistern -- cistern in a place that -- we

1 really needed them, but kind of didn't
2 need them. I mean, that needs to be
3 something that the council really looks
4 at and -- and almost mandates that homes
5 have it. Always going to be a challenge
6 on how you're going to pay for it.

7 This is obviously a great way to do
8 that, to incentivize -- I mean, if you're
9 going to incentivize a rain garden in
10 somebody's home, you need to incentivize
11 them putting in a cistern. Now, not
12 everyone needs a 40-gallon one like my
13 Maw-maw Florence had, but something that
14 just pulls the water off of the system.

15 Down the bayou, you know, we talk
16 about the flood fight from storm surge.
17 And it's all about the duration of the
18 storm, what type of retention do you
19 have, how long can your levee hold off
20 it, and then it's going to recede.
21 Rainstorm fighting is the exact same
22 thing. It's how much water can you pull
23 off of the system to allow the pumps and
24 the canals to work like they are
25 designed. And any obstruction deters

1 from that.

2 One thing I was particularly excited
3 to hear about, and again, me and
4 Mr. Malbrough talked about this
5 extensively, is the stormwater parks.
6 Tremendous opportunity there. I think
7 that NORD needs to be really engaged a
8 little more on this --

9 MS. KINCAID:

10 And they are engaged. We've been
11 working with the new, uh, director, Larry
12 Barabino, you know -- but the city does
13 have a lot of new personnel. And, you
14 know, the last -- the first year, you
15 know, city employees, we'd see each other
16 in the elevator and say, How are you
17 liking that firehose water? It's
18 delicious, huh?

19 So, you know, we're working with
20 NORD and getting more involvement with
21 them. And we're also looking for what
22 are the next things. Right?

23 SENATOR CHABERT:

24 Yeah.

25 MS. KINCAID:

1 You know, so, these were, uh, money,
2 you know, that was already in the pocket
3 and had to be spent and had to be spent
4 in a certain time so we didn't lose the
5 money. But what are the next things,
6 right?

7 And so, part of what we looked at
8 this summer was, um, (indiscernible)
9 state properties where they're probably
10 not going to put a school back. Also
11 looking at, as I mentioned, you know, can
12 we do a CEA on some of the large
13 structures in the East, and then --

14 SENATOR CHABERT:

15 Oh, the East is a tremendous
16 opportunity for so many different things.
17 Ecotourism alone, if developed properly,
18 could be a major opportunity for the
19 redevelopment of that area.

20 MS. KINCAID:

21 No one wants to be the first person
22 to have something. Right? You know, so,
23 we feel like once we have the City Park
24 project underway -- we already have
25 interest through Audubon. And so, you

1 know, we have Joe Brown Park in the East.
2 And so, showing people that this can be
3 done in a way that is respectful of the
4 park's uses and brings added value, we
5 think once we've done that with City Park
6 and that's well on the way, that we'll be
7 able to have greater conversations with
8 Audubon.

9 You know, so I talked with Audubon
10 that -- they have lagoons that are not
11 circulating, which creates a different
12 problem. You know, so, circulating it
13 and enlarging them would help the city
14 with drainage, but would also help them.
15 You know, they have a huge
16 bacteriological sink, uh, that then
17 becomes a smell problem for people that
18 are using the parks. I can make that
19 problem go away, right? That's a
20 win-win.

21 SENATOR CHABERT:

22 Yeah.

23 MS. KINCAID:

24 And then, you know, from your
25 vantage point, you know, and as you talk

1 with other people that are downtown, if
2 you can evangelize to building owners
3 about how much money they would save if
4 they would go with this technique, that
5 would help me so much.

6 SENATOR CHABERT:

7 And GNO, Inc. obviously is a
8 tremendous resource for you guys to get
9 out that message.

10 A couple more things and I'll shut
11 up and let Mr. Davis talk.

12 You know, the area that the -- the
13 project area between Louisiana and MLK is
14 an area I know well. I lived there
15 twice. I was living in that area for
16 Katrina. I think what y'all are doing
17 there is phenomenal.

18 Again, the NORD opportunities for
19 just -- existing park sinkage. Right?
20 If you can dig them out -- right? Some
21 of those basketball courts and whatnot
22 would serve as excellent opportunities
23 for stormwater parks. And all you're
24 doing is, as opposed to having a
25 street-level basketball court, dropping

1 it several feet, um, to make it a
2 stormwater retention area. I think that,
3 um, you have a number of opportunities
4 around the city to do that. It's not
5 something that's going to be free, but
6 the ability to proliferate that around
7 areas outside of particular project zones
8 I think is -- is a phenomenal
9 opportunity.

10 MS. KINCAID:

11 So, we are considering that as an
12 option. So the dry retention, what
13 you're talking about, where you drop
14 something down and it's designed to only
15 temporarily flood it, you know, that has,
16 uh -- so as we're getting more into the,
17 uh, things in HMGP being construction, we
18 start to track the costs. Right? So for
19 open detention, dry detention, it's about
20 \$4 per cubic foot of water stored. It's
21 a great value. However, it has to be
22 done at a safe angle. And then we have
23 issues in New Orleans with people that
24 are concerned about open water and danger
25 and mosquitoes.

1 And so, what we have done is,
2 looking at a lot of the stormwater parks,
3 doing the underground storage. The guys
4 in the plastics industry are making these
5 underground storage units smaller and
6 more modular all the time. You know? So
7 now, I can actually fit those little
8 boxes around an existing tree, I can get
9 into any area, and it's really changing
10 what we can do. So, you know, it's a
11 little bit more expensive than just
12 dropping it down and doing open
13 detention, but when we think of gray
14 pipe, for the equivalent storage in gray
15 pipe, it's a hundred dollars a linear
16 foot. So even at \$17 per cubic feet of
17 water stored, it's still an order of
18 magnitude cheaper than regular gray pipe.

19 And that's the message that I really
20 want to push out into every parish, that
21 your gray pipe is not cheaper, and it's
22 not giving you any of the co-benefits,
23 like public health.

24 SENATOR CHABERT:

25 Yeah. And finally, after I've

1 thrown all the laurels at the city's
2 feet, I'll kind of bang on them a little
3 bit.

4 You know, one of the things I've
5 been very disappointed with is the lack
6 of interaction between the Parish of
7 Orleans and CPRA. The -- look, I've been
8 on that board for four years now. And
9 again, I've been heavily involved for the
10 entirety of my career. And even when
11 we -- and we do this. We'll meet in New
12 Orleans once a year. Okay? Never has
13 the mayor been engaged. It's always just
14 a representative -- this isn't you, by
15 the way. Councilman Brossett says you're
16 doing an awesome job.

17 But we'll get a representative of
18 the mayor's office that just reads a
19 welcoming statement, and then we proceed
20 with our orders of business. And the
21 lack of engagement from the city is
22 unfortunate -- with the state, as it
23 relates to wetland redevelopment. You
24 know, the hizzer (phonetic) system. I
25 mean, I talked to city leaders and they

1 don't even know what it is. It's
2 shocking. So, that's something that, um,
3 I'm going to leave to Mr. Sutcliffe and
4 the folks that are, um, remaining to do
5 it.

6 But I tell you what, this is
7 probably the best presentation I've seen
8 for the city in my entire time in the
9 legislature.

10 So thank you for your hard work,
11 and, uh, really excited to help in any
12 way I can.

13 MS. KINCAID:

14 Well, the mayor loves to have faith
15 in her technical people and to let them
16 do what she's asked them to do. So, can
17 I ask you, other than the mayor being
18 logged in the CPRA meetings, what would
19 better engagement look like to you? What
20 would that --

21 SENATOR CHABERT:

22 I don't even know who their people
23 are. I don't -- you know, I talked to
24 some of the legislative delegation, and
25 they don't know who the coastal people

1 are. I mean it's not -- it's not upon
2 the state to work with the city. I think
3 in this case, the city, it should be
4 incumbent upon the city to work with the
5 state. It's almost -- we joke about the
6 Isle of Orleans, but it's almost like
7 they forget that they are a coastal city.
8 I know every coastal zone manager for
9 every parish in the state except for the
10 parish of Orleans. I mean, it's crazy,
11 but it's true. And it's unfortunate.

12 But I'm out the door now, so it
13 doesn't really matter. I think it's just
14 more commentary on, as I see things are
15 improving via this presentation that you
16 did so eloquently, and -- and I think
17 it's going to be awesome.

18 MS. KINCAID:

19 Thank you for the note. I will take
20 it back. I just didn't see I wrote it
21 down, so --

22 SENATOR CHABERT:

23 And again, I had to reach out to the
24 mayor's office and offer my help in any
25 way that I possibly could, but in many

1 cases it was, you know, we were trying to
2 repair the barn door after all the cows
3 are gone.

4 CHAIRMAN HARRIS:

5 Mr. Davis?

6 MR. DAVIS:

7 I wasn't going to say anything, but
8 the senator made me.

9 Again, a terrific presentation and,
10 you know, for those of you who don't
11 know, you know, Tulane is a city within a
12 city. And so we are trying as best we
13 can to nest our stormwater planning with
14 the city's. And so, yeah, it is -- it's
15 a huge undertaking.

16 The one thing that strikes me, and
17 this is the same comment I've had about
18 the state coastal program, is this is
19 terrific work, but much of it wouldn't be
20 happening if we hadn't had a disaster.
21 Waiting for disasters to deliver
22 resources, is not wisdom. We have to
23 find ways of identifying revenue sources
24 that allow us to do things before the
25 worst happens to us.

1 So, I'm glad we were able to seize
2 the moment and take advantage of it, but
3 I think going forward, we have to figure
4 out, you know, who can pay, what they
5 should pay, and what we should be
6 expecting in return. Because I realize
7 no one wins elective office promising
8 taxes, but increasingly, we're going to
9 have a promised value. And I think
10 that's the real question, because we are
11 going to see, um, you know, the
12 investment climate changing dramatically
13 if we do not invest in our future while
14 there's still time to do it.

15 Thank you.

16 MS. KINCAID:

17 Yeah, that's something that I track
18 as well. The international interest in
19 how cities are responding to climate
20 change, um, there are green investment
21 bonds, more in Europe, and now we're
22 starting to see that in Asia. And then
23 if you look at what happened in
24 Philadelphia, they did that as a
25 stormwater cap and trade, which was able

1 to monetize green spaces for schools,
2 campuses, churches, and cemeteries, and
3 then they were able to trade that with
4 commercial development that didn't have
5 the ability to do stormwater management.

6 But the other thing that I really
7 wanted to share, and I tried to hit on it
8 a couple of times, is that this is cost
9 effective. Yes, we did this with
10 one-time disaster money, but what the
11 data is showing us, is that compared to
12 gray pipe, or compared to other types of
13 things that are just cost effective, what
14 we don't have yet is the methodology to
15 capture all the benefits. Let me give
16 you an example.

17 So, if your temperature in your home
18 does not go below 84 degrees at night,
19 you have a 40 percent higher chance of
20 dying from a chronic health condition the
21 following day. Chronic health condition
22 being COPD, renal failure, diabetes,
23 heart disease. (Inaudible) tracked,
24 right? If you drop dead from COPD and we
25 had a heat spike the previous day, that's

1 not really tracked. So all of the health
2 benefits that we could get from reducing
3 urban heat, are not yet well modeled.
4 And that's where we could really be a
5 leader, a leader, in the scholarship of
6 what's happening in climate change,
7 what's happening in stormwater
8 management, urban heat.

9 I would also say that, as we have
10 shown that these things are cost
11 effective, it's not just the city. It's
12 also the benefit for private citizens and
13 commercial developments.

14 Now, the city council did recently
15 pass a requirement that new parking lots,
16 not parking areas, had to be pervious
17 surfaces. And they didn't just say
18 commercial. They said non-commercial.
19 So it applies to the city, it applies to
20 non-profits, it applies to churches and
21 schools. So we're starting to see this
22 council walking the talk. Right? And
23 they're really saying we're also going to
24 do these things.

25 But what I'm not sure that we've

1 really done a great job of, is sharing
2 the data with other parishes. And my
3 kind of canary in the coal mine is when I
4 talk to people about the Stafford Act and
5 the non-disaster hazard mitigation.
6 There's always someone that had not heard
7 of that yet. So I know that it's not
8 getting out there to the other parishes.

9 And to the parishes that haven't had
10 disasters, please, lean on your parishes
11 and your cities that have had disasters
12 and have done successful hazard
13 mitigation applications. Let's work
14 together. When we compete, I want us to
15 be competing with Houston, Atlanta,
16 Charlotte. Not competing inside the
17 boundary of the state.

18 And I also -- I know it probably
19 seemed like I threw a ton of information
20 at you and I totally nerded out, but I
21 actually deleted some slides, and one of
22 the slides that I deleted was on the
23 wonderful work that Tulane has done in
24 helping us with species identification.
25 They're the ones that determined for us

1 that Dillard Wetlands was actually a big
2 mosquito reservoir, and totally changed
3 my design approach of what I wanted to do
4 there.

5 SENATOR CHABERT:

6 One of those recurring funding
7 sources is going to be the GOMESA revenue
8 that's going to be a direct allocation to
9 Orleans Parish, you know, which is one of
10 the closest parishes, uh, which makes it
11 receive a lion's share of a lot of the
12 proceeds to that. But again, working
13 consistently with the master plan on
14 comprehensive planning, um, in
15 partnerships. And the reason why I keep
16 going back to CPRA and whatnot -- and
17 before Rachel -- she did a great job, by
18 the way.

19 MS. KINCAID:

20 Oh, there she is.

21 SENATOR CHABERT:

22 Yeah. She came in and was taking
23 pictures of you. It was awesome.

24 The opportunity for partnership is
25 so important because of the -- I joke

1 with the consistency factor, right? It's
2 consistent with the master plan, you can
3 work on it on your own, you can partner
4 with CPRA, they -- they want to partner
5 with you, utilizing your resources and
6 theirs, collectively, which, obviously,
7 can pay for a lot of stuff.

8 MS. KINCAID:

9 Uh-huh. One of the great things
10 about this is, you know, the city doesn't
11 always own property where the problem is,
12 right? But with storage, with this type
13 of approach, there's never a bad place to
14 put storage. There's never a wasted
15 place to put storage. Now, there are
16 ways where, in determining -- you know,
17 if you look at where your storage is
18 placed kind of inside the watershed,
19 further away from the collection point is
20 better, but there's no bad place.

21 And so as we look at, like, you
22 know, Oh, gosh, do I really want to rip
23 up this entire road, you know, to get to
24 these drainage pipes and I have this huge
25 cost of putting road back, you know,

1 whereas, opposed to, I have this land
2 that I already own where I'm not planning
3 on putting a school back, and I can turn
4 it into a stormwater park. So storage
5 gives us the flexibility to work with the
6 assets that we already have in the
7 system.

8 He and I can do this all day, so you
9 guys should --

10 SENATOR CHABERT:

11 Yeah, just jump in.

12 CHAIRMAN HARRIS:

13 Go ahead.

14 MR. BALKUM:

15 Ms. Kincaid, thanks for that
16 information. That was impressive. Just
17 a simple request: Any chance we can get
18 a copy of your presentation?

19 MR. REONAS:

20 Yeah. Absolutely. We'll put it up
21 online and I'll send a notice out.

22 MR. BALKUM:

23 Thank you very much.

24 CHAIRMAN HARRIS:

25 Do we have any other questions?

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MS. KINCAID:

Thank you all.

CHAIRMAN HARRIS:

Ms. Kincaid, thank you.

(Applause.)

CHAIRMAN HARRIS:

Please proceed to our next agenda.

MR. REONAS:

Certainly. We had on the agenda, No. 5 was Amanda Vincent with the Department of Environmental Quality, the Water Quality Trade Program. The final rule was just issued recently, but we have had to strike that one from the agenda today. We'll try and get her back to kind of give an update on that at one of the next meetings.

So next would be Ms. Leslie Durham on an update on the Louisiana Rural Water Infrastructure Committee. This was a committee that Governor Edwards began, I think it was last -- either last year or earlier -- I think the legislation passed earlier this year. So we're going to go from urban to rural in one meeting here.

1 And so, Ms. Durham?

2 MS. DURHAM:

3 Thank you. I don't know how you're
4 going to change hats with this, but, um,
5 one thing, um -- Mr. Davis isn't here.
6 We're talking about all that money,
7 trying to get everybody on the same page,
8 wanting to do these projects now before
9 we get into a disaster? You talk about
10 rural, you can't do that. These people
11 aren't going to change, unless you have a
12 disaster. And I'm from Tensas Parish, so
13 I can actually say that.

14 My name is Leslie Durham. I
15 represent the governor with the Delta
16 Regional Authority, as his designee on
17 the Delta Regional Authority Board.
18 Delta Regional Authority, if you don't
19 know, is made up of eight states. It's a
20 federal grant program. We have --
21 every -- every one of the governors is
22 represented on that board, and one person
23 who is represented by the President of
24 the United States.

25 We have a little money that we use

1 to leverage for projects, infrastructure,
2 economic development. Anytime you're
3 going to create a job, if it has to do
4 with rural delta, we can help. In the
5 past four years, under Governor Edwards,
6 Louisiana was able to secure just over
7 \$10 million. And we were able to
8 leverage that to bring in \$130 million.
9 That's not too bad for a little-bitty
10 program.

11 All right. During my time, I also
12 represented Governor Blanco with -- in
13 the same position. So this is not my
14 first rodeo. So when we got started,
15 Governor Edwards took office. He had a
16 bottle of water from my home town sitting
17 on his desk. You might have heard about
18 it. From St. Joseph. My kitchen's
19 actually been on CNN. I had lead in my
20 water. My drinking water was the same
21 color as your desk. Come to find out, we
22 have -- 60 percent of the infrastructure
23 in Louisiana is similar to St. Joseph.
24 It's failing.

25 So, the governor got started

1 immediately working on what to do to help
2 St. Joe. We had been in this situation
3 for over ten years with no -- no resolve.
4 So once he got in office, started making
5 appointments and started bringing people
6 together, trying to figure out how to
7 work -- and got some resolve, or got the
8 ball rolling.

9 In the meantime, my position, I was
10 able to help with some infrastructure.
11 And we started talking to some other
12 communities around the state about their
13 water systems and how they are in the
14 situation they're in, how they got there,
15 and how we can do something about it.

16 Being from a rural area, contrary to
17 what y'all heard for the past hour, we
18 don't have the money and resources. And
19 so, those folks, they don't know who to
20 ask. They know not to ask because they
21 know they're not going to get a "yes," so
22 they just look at each other and say,
23 What are we going to do?

24 So, right before Christmas, it was
25 almost this time, 2016, was the Tuesday

1 before Christmas, was going to be on
2 Sunday. I get a call at 4:13 in the
3 afternoon, from Natchitoches Parish, the
4 police jury president. He said there is
5 a community in his parish that had been
6 without water for three weeks. And they
7 had looked at each other and looked at
8 each other, and no one knew what to do.
9 And somebody said, "Call Leslie Durham
10 and see if she can help."

11 So I got in touch with the governor
12 and he said, "Get those people water by
13 Christmas." So, I try not to say "no" to
14 him. So, I went to our board, which is a
15 federal board, and talked to them about,
16 you know, emergency situations. And I
17 looked at -- I called USDA. They were
18 involved and didn't know what to do. No
19 one has actually emergency money, I'm
20 sure you know. "Emergency" is more like
21 a year down the road, but not immediate.
22 This community needed immediate help.
23 They didn't need a lot, but no one knew
24 how to help them.

25 So LDH was involved, so we brought

1 in USDA, got their information. Had
2 Rural Water Association, brought them in,
3 and working very quickly, we figured out
4 what was wrong, what they needed, and who
5 had it, and how we can get it. And we
6 were able to secure federal funding in 28
7 hours. We got seven governors to sign
8 off, and we were able to get that
9 community what they needed. Like I said,
10 I had the call at 4:13 on Tuesday. By
11 Thursday afternoon, we were pumping
12 water. So, it can work if we work
13 together. And we all were like, Hey,
14 this is kind of cool. We were -- had
15 this problem for a while, had these folks
16 on the fence, and our agencies pulled
17 together and shared information, shared
18 resources, made it work.

19 What we also did was stay with the
20 community. The same group of agencies
21 stayed with them, encouraged them to meet
22 again, pretty quickly, because that was a
23 band-aid on a bigger problem. And so a
24 year and a half later, that same
25 community has consolidated with another

1 water system and is now very sustainable
2 and has very good water. And that
3 problem is solved. Check that off the
4 list.

5 This group started thinking, Hey,
6 you know, I've got this problem over
7 here, can y'all come help me over here?
8 And this agency over here said, I've got
9 a problem, can y'all come help? So we
10 started helping each other. And that was
11 the start of the Rural Water
12 Infrastructure Committee that the
13 governor had -- Senator Francis Thompson
14 introduce in committee and ultimately
15 signed into law in this last session.

16 And we now -- and you have -- you
17 have all the information in your packet.
18 Some of you are actually members of our
19 committee. It's made up of mainly
20 regulatory end funders. And we actually
21 sit down together, talk about -- we have
22 two groups. We have a smaller committee
23 that will go out to a community that is
24 in need, in distress, has a problem,
25 asking for funding, and -- but -- or they

1 don't know what to do. And we can
2 actually go sit down with them, and we
3 do, and have hard conversations.
4 Sometimes, you know, we have to do that.
5 We've got a lot of new mayors and new
6 councils and we've got water boards that
7 don't have the education that they should
8 have about their drinking water.

9 So we sit down with them and we have
10 the hard conversations about their rates,
11 about what -- you know, the numbers, how
12 many are -- that they have on their water
13 system and how many it needs to be to
14 have a sustainable water system. Or
15 about their water. We've got communities
16 that are really just pulling bad water,
17 and we have to figure out how to help
18 them. And we were able to get an
19 engineer through LDH to help our team to
20 be a backup for the communities.

21 One problem we ran into in St.
22 Joseph was, um -- our mayor was our
23 problem. That was our problem. And he
24 all of a sudden was getting a lot of
25 money to work on the water system, and he

1 hired a separate engineer for every
2 little piece of it. Well, those
3 engineers weren't talking to each other.
4 And you could see it coming. It was just
5 getting to be a big mess. So we had to
6 get another engineer to be over all of
7 them and be a project manager, and that
8 saved a lot of money and helped
9 coordinate the whole matter.

10 But that's a problem. Our small
11 communities, they -- sometimes they don't
12 have engineers, or they don't know who to
13 talk to, or if their one engineer that
14 they've had for 30 years is telling them
15 one thing, they don't know to question.
16 And they never question.

17 So our engineer with the Rural Water
18 Infrastructure Committee that's through
19 LDH, is able to assist them, to look at
20 it, to say, Hey, yep, that's good, sound
21 advice right there. Or, Hey, what about
22 have y'all looked at these other options?
23 You know, what about consolidating with
24 your neighbor? You've got these other
25 issues over here, your plan is not

1 addressing any of these. You know, so
2 you -- there's a backup there now. There
3 wasn't before.

4 And what we did as a committee,
5 before we even were codified, we were
6 looking at all the water systems, all the
7 public water systems, and kind of put
8 them in categories: Most distressed, and
9 to, you know, down to, you're okay, we're
10 not worried about you at the moment. But
11 the ones that were most distressed were
12 the ones that we call, you know, a hiccup
13 away from no water. Just one little
14 thing happened and they are completely
15 out of business. And so we're actually
16 reaching out to those communities. And
17 that's something that we weren't doing
18 before. We were doing it when we had to
19 or we had an administrative order -- my
20 community had an administrator order, the
21 mayor didn't even tell the council. The
22 soil conservation group found out and
23 publicized it. That's how we knew. They
24 don't know what to do. And it's
25 something that we are -- we are taking on

1 too, is education, is trying to get some
2 education. And we may even look
3 legislatively to mandate some. Right now
4 it's not. It's not.

5 But, um, I don't want to keep
6 talking. I know you've got a lot of
7 information from me and I've -- I've
8 given you some and I -- I want to answer
9 questions. I know my -- my area, it
10 doesn't cover Lafayette, and that's about
11 it out of your group. But I do help with
12 some programs in Lafayette that help
13 other parishes. So I can do some things
14 in parishes that I don't actually cover,
15 but.

16 But statewide is, um -- the rural
17 water issues, we have a lot in North
18 Louisiana, for some reason. But, um,
19 consolidating is something that we're
20 really pushing hard, and education.

21 CHAIRMAN HARRIS:

22 Thank you, Ms. Durham.

23 Do we have any questions from the
24 commission members?

25 (No response.)

1 CHAIRMAN HARRIS:

2 Thank you very much.

3 MS. DURHAM:

4 Okay. Well, I brought Allen
5 Robinson from my office, and I appreciate
6 him coming out, and I appreciate the
7 opportunity to speak to y'all today.

8 CHAIRMAN HARRIS:

9 Well, and thank you for all you do.

10 MR. REONAS:

11 All right, Mr. Chairman, the last
12 item in terms of presentations comes from
13 the Vice Chairman up there himself,
14 Mr. Brad Spicer. So.

15 MR. SPICER:

16 All right. Thank you. I'm going to
17 take this opportunity to talk about some
18 of my experiences and then some of the
19 things that I think we've achieved over
20 the last 30 or 40 years in addressing
21 soil and water issues in the state. So,
22 if you'll bear with me on discussing my
23 experiences.

24 I have been very fortunate as a --
25 in my career. I've worked 55 years, um,

1 short a few months of, um, doing soil and
2 water conservation work in the state of
3 Louisiana, and I have seen some major
4 accomplishments. When you look back in
5 the 1930's, prior to the, um, Soil and
6 Water Conservation Service being formed
7 and the state Soil and Water Conservation
8 District being established, uh, we --
9 there's many thousands of acres in the
10 state that you couldn't farm anymore. It
11 eroded, it, uh -- taken timber off the
12 land and, um, you -- you could lose
13 bulldozers trying to grade the land.
14 That's how bad it was in North Louisiana.
15 And, um, during the '50s, we cleared a
16 lot of land, um, for various purposes.
17 So we had a lot of issues that have been
18 addressed over the years.

19 But, um, I worked for the Soil
20 Conservation Service for 21 years.
21 During that period, um, I spent about
22 half my time working with state agencies
23 on special assignments. Um, the first
24 assignment was in 1975. I went to work
25 for the governor's office, the Office of

1 State Planning, to help them develop
2 their Coastal Management Program, uh,
3 which, um, was the program that started
4 all the work that we've done in the
5 coastal area.

6 I also worked on the Clean Water Act
7 with Dale Givens. I might mention Dale
8 Givens and Tom Templet, both of them
9 become secretary of DEQ, to -- so -- your
10 predecessors, Tom.

11 So anyway, I've had that experience
12 and, um, doing the work for the Clean
13 Water Act in 1972, Clean Water Act, the
14 state was in, um -- trying to implement
15 that act and, we, um, formed a management
16 team in the state, um, the team
17 represented -- it was five members,
18 represented, um, the, um, various
19 agencies that the state had at that time,
20 the Stream Control Commission, which was
21 responsible for water quality. Um, air
22 pollution and radiation -- radiation was
23 a big issue back, uh -- matter of fact,
24 NRCA, or Soil Conservation Service and
25 most federal agencies that did field

1 work, had to be trained to -- with Geiger
2 counters and other equipment to -- to --
3 because of the Cold War and the threat of
4 nuclear, um, attacks on the U.S. So,
5 um -- but that five-member team finally
6 developed a plan that led to the
7 formation of the Water Quality
8 Commission, which was a forerunner to
9 DEQ, in 1980, um -- in 1983.

10 So, um, I spent a lot of time with
11 the Department of Transportation and
12 Development as well. Chris, the state's
13 soil and water conservation commission
14 was in the -- the Department of
15 Transportation and Development. And the
16 reason for that was that, um, we, um, had
17 a close working relationship with the
18 Office of Public Works during our -- they
19 were the state sponsor for our watershed
20 program. We had an extensive watershed
21 program back in, um, the '50s, '60s, and
22 '70s, and with the new constitution, we
23 had to take 360-some agencies, place them
24 in, uh, 20 departments, including the
25 Governor's Office, and, uh -- so the

1 state commission elected to go into DOTD
2 because of the close working relationship
3 with the Office of Public Works, which
4 was going to DOTD, and the, um -- and in
5 addition, we just elected a new, um,
6 commissioner of agriculture, Gil Dozier,
7 and they didn't want to go into the
8 Department of Ag. at that time because of
9 the reputation Commissioner Dozier had.
10 So, um, that's how, um, we ended up in
11 DOTD. So.

12 Um -- I had to look at my notes. I
13 put this together last night to try to
14 have some guidance here.

15 But, uh, the other assignments I had
16 was with the Department of Natural
17 Resources. Um, I, um, was at work with
18 Dr. Chip Groat, the state geologist,
19 doing the state, um, geological map and
20 some other, uh, tasks that we worked
21 together on. And, um, he, at that point,
22 become director, in addition to the state
23 geologist, director of the Division of
24 Coastal Zone Management in DNR, and he
25 requested my boss that I come work with

1 his new team, um, to give them technical
2 guidance.

3 And I'll give you an example why
4 that was so important. This was a young
5 group, just recently graduated from
6 college, um, marine biologists and
7 others, and, uh, I sat in on a meeting
8 with Shell Oil, and they had violated
9 some guidance. And so, they decided to
10 fine Shell Oil \$60,000. And then Shell
11 Oil said okay, we'll do that, but then
12 they had to close it to now, do a -- they
13 didn't have -- but that's what the -- the
14 Coastal Zone folks decided they were
15 going to do.

16 Well, they went out and dumped
17 \$60,000 worth of shale and organic soils.
18 And so within a year, um, there wasn't
19 much shale left there, and the -- the
20 opening was larger because of the erosion
21 of the shorelines on both sides of the --
22 without the shale. So that was a -- they
23 needed a lot of guidance. And by the
24 time I left, they were in outstanding
25 shape because of -- not because of my

1 work, but the fact that we were able to
2 point things out to the staff and they --
3 they were, um, very anxious to do what
4 was best for our coastal area. And so,
5 um -- um, I really enjoyed that work and,
6 um -- and of course that's pretty nice to
7 help put together a program and then get
8 to help implement it and -- when you're
9 not part of the system. So.

10 And also, um, when I was working for
11 the Office of State Planning, um --
12 mentioned Gil Dozier -- Bob Odom needed a
13 job. He was with the Department of Ag.
14 and Forestry and running the pesticide
15 program. And Charlie Roemer was the
16 individual that I reported to, um, from,
17 um -- in the Governor's Office. And, um,
18 so he called and asked if I could hire
19 Bob Odom. And of course I didn't know
20 him, and I said, well, certainly, uh, if
21 that's what he wanted me to do.

22 Anyways, later, Bob Odom become
23 commissioner of agriculture, and there
24 again, I was requested to leave my job as
25 a, um, a river basin staff leader with

1 the Soil Conservation Service and come
2 work on the, um -- he wanted to redo the
3 pesticide program, um, to -- and which we
4 did, uh, which was one of the best at
5 that time in the country, was the
6 education, certification, and -- and, um,
7 surveillance and enforcement. So, um --
8 and it's still an excellent program.
9 And, um, we worked closely with LSU in
10 the pesticide program.

11 In 1985 I had the opportunity to --
12 to become executive director of the state
13 Soil Conservation Commission, and so I,
14 um, retired from the Soil Conservation
15 Service and took that position. Um, and,
16 um, after -- I guess Buddy Roemer was
17 governor in '88 -- I don't have my, um,
18 dates exact here -- but anyways, I was
19 asked to serve on his transition team.
20 And so, um, a few days after I agreed to
21 do that, I got a call from Manny
22 Fernandez, who was heading up the
23 transition team, and he said, um, he just
24 talked to the governor-elect and that,
25 um, we were being moved out of DOTD. And

1 he said, Here are your options: DEQ, um,
2 DNR, or Department of Ag. and Forestry.
3 So the state commission elected to go
4 with, of course, the Department of Ag.
5 and Forestry.

6 And then I, um, was asked to write
7 the legislation to move the commission to
8 the office, um -- to the Department of
9 Agriculture and Forestry, and I had some
10 good help from a gentleman -- I see Su
11 King just left, but, um, one of her, um,
12 workers over there, Ralph Cunningham -- I
13 don't know if it's -- not many people in
14 here old enough to -- to know these
15 folks, but -- anyways, um, Ralph was not
16 very close friends with Commissioner Odom
17 for some reason. And I asked him to take
18 a look at the legislation and he, um,
19 said, um, I don't think that the
20 commissioner of agriculture ought to be
21 identifying who is supposed to be in
22 charge of the conservation commission.
23 And so, um, he recommended that the
24 commission select who is going to be
25 assist -- oh, and also formed the Office

1 of Soil and Water. We didn't have one.
2 So, um -- in the legislation. So we
3 formed the Office of Soil and Water
4 Conservation. And, um, the legislation
5 called for the executive director of the
6 Office of Soil and Water Conservation to
7 be the, um, assistant commissioner for
8 the Office of Soil and Water, and that
9 the state commission would be the
10 authority to identify who would serve in
11 that capacity. And that's the same as
12 the Office of Forestry, by the way. So.

13 But, uh, we moved on, and after
14 getting into the, um, Department of Ag.
15 and Forestry, I was fortunate to be able
16 to expand our program. At the time, um,
17 we had oversight over the soil and water
18 conservation districts, 44 of them, and
19 so I was able to expand the program to
20 include, uh -- I don't know. Let me see
21 if I have a list of them here. But, um,
22 some of the principle, um, efforts
23 included doing a BMP, where we were able
24 to work with DEQ and all the ag.
25 hazardous waste and all the other

1 non-hazardous waste from processing
2 and -- and so on. We were able to manage
3 that through a best management practice
4 program that we, um, worked out with DEQ,
5 saving, um, millions of tons of debris
6 going to landfills, which is significant
7 for water quality and other reasons. We
8 don't have that much land that is suited
9 to landfills in the state, and, um, to
10 not move all that debris into, um,
11 landfills is significant.

12 But we have, uh, on file right now,
13 operating probably close to 800 BMP sites
14 in the state. And, um, we don't regulate
15 those. DEQ does. If we have a
16 complaint, we go investigate it. And if
17 we determine that they're not complying
18 with the BMP, then we have DEQ inspectors
19 come manage it. So, um...

20 And then of course we have Coastal
21 Zone Re-vegetation Program. Since that
22 program has been implemented, that's
23 joint -- was with Coastal Zone Management
24 and then, uh, it's now with the Coastal
25 Protection and Restoration Authority.

1 We've planted over a thousand miles of
2 vegetative material on shorelines,
3 interior water bodies that, um -- um,
4 being eroded on the shorelines, and,
5 um -- um, so that's a significant effort.
6 And we do that with, um -- most of the
7 work is done by volunteers. Each -- we,
8 um -- all our coastal districts
9 participate in that program. And, um,
10 their own staff plus volunteers. So we
11 get a lot of mileage out of a few bucks
12 from, um -- um, Coastal Protection
13 Restoration Authority.

14 We have a master farmer program,
15 which is, um, a, um, an effort with LSU,
16 DEQ, and Farm Bureau, but it's run out of
17 the Department of Ag. and Forestry. We
18 also -- we, um, require that farmer to --
19 if he's going to earn his master farmer,
20 he has to go through an education program
21 with LSU and then, um, implement a
22 comprehensive conservation plan that
23 includes addressing all of our quality
24 issues, air quality, wildlife, um,
25 enhancement and -- and, um, so, it's a

1 great program. And, um, the idea is
2 that, um, if you've done all these
3 things, then DEQ, nor EPA can say, well,
4 if you've got a master farmer's plan
5 implemented, you know, can't, um -- you
6 won't be charged with any violations. It
7 doesn't happen that way. So, um -- but,
8 um -- and then we have some educational
9 programs that, um -- Project WET, we do
10 that, and we have a lot of folks
11 participating in that effort with us.

12 So, um, I know it's getting close to
13 lunchtime. So, um -- it's after
14 lunchtime, really. So, I'd like to
15 mention a couple of, um, things that has
16 happened over my 40, uh, 50 years, um,
17 that I think are significant to
18 addressing water quality, water use and
19 management, and, um, for soil protection.
20 And, um -- to retain the integrity of our
21 soil resources in the state.

22 Back in, uh, let's see, in -- I
23 guess it was 1985 -- well, I'll start
24 from 1985. That was a significant farm
25 bill. We do a farm bill every five

1 years, the federal government does a farm
2 bill. And I might mention that, um,
3 Senator Breaux and his aide, um, Johnny
4 Broussard, I worked with them for many
5 years, and they were outstanding, uh,
6 trying to make sure that the farm bill
7 contained the programs that would benefit
8 Louisiana and the farmers across the
9 country. And it also addressed
10 environmental issues.

11 And the 1985 farm bill had three
12 components that really changed the way we
13 do conservation work in the nation. It
14 contained what was called the
15 swampbuster, the sodbuster, and
16 cross-compliance. And so, um, a farmer
17 that had, um, highly eroded soils, if he
18 didn't implement a group of conservation
19 measures to keep that soil from eroding,
20 if he tried farming it without doing
21 that, that's where the cross-compliance
22 come in. He couldn't, um, gain any other
23 federal benefits if he wasn't complying
24 with the sodbuster rules. And the same
25 with the wetlands, the swampbuster rules.

1 If a farmer was clearing land and, um,
2 and farming it, um, that individual could
3 not, um, be eligible for any USDA
4 benefits as well. So, um -- now you got
5 a huge difference in the management of
6 our, um, soil and water resources in the
7 state.

8 And then, um, in 1990, we passed the
9 Wetland Reserve Bill, which allowed the
10 state -- the states to go in and restore
11 their wetlands. In Louisiana, at that
12 time we had nearly a half a million acres
13 that had been cleared of bottomland
14 hardwoods, and that they were either
15 frequently flooded or occasionally
16 flooded. And that was in 1990 when that
17 bill was put into effect. Last year, um,
18 we had achieved 125,000 -- 325,000 acres
19 restored back to bottomland hardwoods.
20 And that effort also got the black bear
21 off the endangered species list because
22 of the work we've done in providing
23 corridors for the bear to move up and
24 down the alluvial valley and -- and so,
25 um, that was a significant effort there.

1 But the other really important part
2 of this is the water quality and flood
3 prevention, because all at once we put
4 325,000 acres back into bottomland
5 hardwoods, that cleanse water as it moves
6 through it to -- to the streams, as well
7 as, um, providing 325,000 acres of
8 storage of floodwaters. So, um -- you
9 know.

10 The other programs, just to give you
11 some idea how, um, extensive this effort
12 is, from 1997 to 2018, just, uh, EQIP
13 program. This does not count the
14 technical assistance cost, uh, for the
15 cost of the federal and state employees,
16 um, to implement, we -- we -- um, the
17 state brought in \$211,000, um -- a
18 million dollars; excuse me.
19 \$211 million, and we did conservation
20 work on 3,400,000 acres. And under the
21 conservation storage shed program from
22 2000 to 2018, we, um, spent nearly
23 \$180 million in, uh, two and a half
24 million acres.

25 So that gives you some idea of the

1 kind of work that's gone on, which most
2 folks, they see it happening on their --
3 their property or neighbor's property,
4 but don't see the huge amount that is
5 being done across the state annually.
6 So, these are significant programs.

7 And I might mention all the programs
8 that we do through the, uh -- now the
9 NRCS; it used to be the Soil Conservation
10 Service -- is a joint effort. We partner
11 with DU, um, Nature Conservancy, LSU,
12 DEQ. We have a -- we've had an agreement
13 with DEQ ever since -- since they were
14 formed, really, to do conservation work
15 through the, uh -- doing water quality
16 specifically, uh, with our conservation
17 programs with DEQ.

18 We have a joint program in section
19 319. Many of you are probably aware of
20 that. But, um, that is an effort we --
21 it's -- all that -- those dollars have to
22 go to determine watersheds, addressing
23 stream segments that have non-point
24 source pollution, um -- uh, caused by
25 agricultural activities.

1 So, um -- um, I see Mark is back in.
2 And I want to make a comment. Earlier he
3 said that, um, it's really discouraging
4 to know that it takes a crisis to make
5 anything happen in the state. Well, I
6 was interested in getting this
7 commission, um, for years, starting back
8 in the '80s. And, um, I talked to
9 legislators, and uh, you would think that
10 you had someone interested, and all at
11 once he got talking to his associates,
12 and evidently it wouldn't happen.

13 Well, in 1999 and 2000, we had
14 unbelievable droughts. And I was
15 prepared -- and Su King left a few
16 minutes ago, but Su King, uh --
17 Representative William Daniel -- I think
18 some of you probably know William -- we
19 got together and formed a team, uh --
20 Karen Gautreaux, I think she was with DEQ
21 as assistant secretary at the time --
22 deputy, yes. And so, we put together,
23 um, the legislation and we got it passed.

24 Now, I helped write that
25 legislation, and it was much more

1 extensive. It included surface water.
2 But you couldn't convince anyone that
3 surface water and ground water was
4 related at that time, and certainly not
5 in the legislature. So -- but anyway, we
6 got that passed.

7 And back in 1988, the forerunner to
8 the Coastal Zone Program, or the Coastal
9 Protection Restoration Authority, we
10 passed a bill, Dr. Chip Groat and myself,
11 and Conway LeBleu from Lake Charles,
12 Representative Conway LeBleu, uh, he --
13 and we needed help from North Louisiana.
14 And, um -- um, Representative Long filled
15 that gap for us and we were able to pass
16 a coastal, um, commission, um, protection
17 program in 1988. Now we have billions of
18 dollars that we can use. Back then we
19 were -- we could use revenues of -- oil
20 and gas revenues, up to \$14 million. So,
21 it wasn't -- you couldn't get much done
22 for that.

23 I think I'll shut it down here. I
24 might mention, anything that we do in
25 conservation is in partnership with

1 someone, and primarily the land owner,
2 and then other agencies and
3 organizations.

4 So, um, that concludes my remarks.

5 CHAIRMAN HARRIS:

6 Mr. Spicer, I do have one question.
7 First of all, you've compiled a
8 remarkable record of state service. I
9 was wondering if we could convince you to
10 stick around for a couple more years?
11 You would only need a short stint at
12 Department of Revenue and Office of
13 Public Safety, and you would have the
14 complete set.

15 MR. SPICER:

16 Well, I will tell you, I have been
17 through this with my boss for several
18 years, and I don't think I can
19 (inaudible).

20 CHAIRMAN HARRIS:

21 Well, thank you.

22 MR. SPICER:

23 But I want to say this. I've worked
24 with the -- I've worked with the best
25 folks in the country, especially the

1 farmers that, uh, I've worked with, and
2 the land. They're outstanding. And my
3 working relationship with the agencies
4 here in the state, DNR, DEQ, DOTD, has
5 been outstanding. And, um, I know that
6 we do a -- a better partnership here in
7 Louisiana than a lot of other states,
8 because I visit a lot of other states,
9 and it's obvious our working relationship
10 among these resource agencies is
11 outstanding. And that speaks well for
12 all of us.

13 CHAIRMAN HARRIS:

14 Well, thank you.

15 MR. KNOTTS:

16 Chairman Harris?

17 CHAIRMAN HARRIS:

18 Mr. Knotts?

19 MR. KNOTTS:

20 Yes, sir. So, I think what's going
21 unsaid here, Mr. Spicer, is that you're
22 retiring. And on a personal note, I'd
23 like to tell you that for many years, our
24 paths have crossed quite a bit, and I
25 always appreciated your wisdom, your

1 honesty, and your friendship. And I just
2 wanted you to know that. Thank you very
3 much.

4 MR. SPICER:

5 Well, thank you. Same back to you.

6 MR. KNOTTS:

7 Thank you.

8 Chairman Harris, being an engineer,
9 we're not known for our flowery words,
10 but I would like to propose that this
11 Commission consider a resolution thanking
12 Mr. Spicer for his many, many years of
13 dedicated service to water resources in
14 the state of Louisiana.

15 MR. DAVIS:

16 I would second that.

17 CHAIRMAN HARRIS:

18 We have a motion and a second. All
19 in favor, signify by saying "aye."

20 COMMISSION MEMBERS:

21 Aye.

22 CHAIRMAN HARRIS:

23 All opposed?

24 (No response.)

25 CHAIRMAN HARRIS:

1 Motion carries.

2 MR. SPICER:

3 Thank you. That's very nice of you.
4 And I'll say this. That means a lot to
5 me, but, um, to give something like that
6 to my grandchildren, uh, is going to be
7 significant. So.

8 CHAIRMAN HARRIS:

9 Thank you for all you've done for
10 the state and for water resources here.
11 Thank you very much.

12 MR. SPICER:

13 You're welcome.

14 CHAIRMAN HARRIS:

15 Do any of the members have any new
16 business?

17 (No response.)

18 CHAIRMAN HARRIS:

19 Do we have any public comments?

20 (No response.)

21 CHAIRMAN HARRIS:

22 Hearing none, I'll be glad to
23 entertain a motion to adjourn.

24 MR. SPICER:

25 I make the motion.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

CHAIRMAN HARRIS:

We have a motion --

MR. KNOTTS:

I'll second.

CHAIRMAN HARRIS:

-- from Mr. Spicer and a second from
Mr. Knotts.

All in favor?

COMMISSION MEMBERS:

Aye.

CHAIRMAN HARRIS:

All opposed?

(No response.)

CHAIRMAN HARRIS:

Thank you all very much. Thank you
for coming today.

(Whereupon, the meeting was
adjourned.)

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

C E R T I F I C A T E

This certification is valid only for a transcript accompanied by my original signature and original required seal on this page.

I, LISA M. NEALY, Certified Court Reporter in and for the State of Louisiana, as the officer before whom this meeting was taken, do hereby certify that this meeting was reported by me in the stenotype reporting method, was prepared and transcribed by me or under my personal supervision, and is a true and correct transcript to the best of my ability and understanding;

That this meeting was reported by me in the stenotype reporting method, was prepared and transcribed by me or under my personal supervision, and is a true and correct transcript to the best of my ability and understanding;

That the transcript has been prepared in compliance with transcript format guidelines required by statute or by rules of the board, that I am informed about the complete arrangement, financial or otherwise, with the person or entity making arrangement for deposition services; that I have acted in compliance with the prohibition on contractual relationships, as defined by Louisiana Code of Civil Procedure Article 1434 and in rules and advisory opinions of the board;

That I have no actual knowledge of any prohibited employment or contractual relationship, direct or indirect, between a court reporting firm and any party in this matter, nor is there any such relationship between myself and a party in this matter; that I am not related to counsel or the parties herein, nor am I otherwise interested in the outcome of this matter.

LISA M. NEALY, RPR, CCR
Certificate No. 23040